

STATE OF MICHIGAN

IN THE 61ST DISTRICT COURT FOR THE CITY OF GRAND RAPIDS

PEOPLE OF THE STATE OF MICHIGAN,

Dist. Ct. No. 17T-135-FY

v

DR. EDEN VICTORIA WELLS,

Defendant.

---

CONFERENCE CALL

October 21, 2016, at 3:00 p.m.

TRANSCRIBED BY: MS. SUSAN M. MASON, CER 3266  
Certified Electronic Recorder  
(616) 204-5101

1 DR. WELLS: Good afternoon.

2 DR. MCELMURRY: Hello, this is Shawn.

3 DR. WELLS: Hi Shawn, it's Eden Wells. I'm going  
4 to put you on mute for--yeah, we just a hi there, a little  
5 background noise, we'll wait about another minute or two to  
6 get rolling. Did you all get a copy of my agenda?

7 DR. MCELMURRY: I did, I did. And real quick,  
8 just so you know, I think almost all of us on our end have  
9 like 30 minutes. So there's a lot here, and I think we're  
10 going to have to meet again to go through it in more detail,  
11 it's obvious, and I really appreciate you putting the time  
12 and, you know, getting all of the stuff down. So, we'll get  
13 through what we can. I'm going to put you guys on mute, so  
14 you don't hear the airport behind me and then I'll try to  
15 chime in whenever I'm cued or whenever necessary, okay?

16 DR. WELLS: Well, what we'll do then is we'll run  
17 quickly through the agenda, or we'll go quickly through the  
18 subjects and then try to get done in a half an hour, but  
19 definitely we'll want to bring up the issues and then need  
20 to figure out next steps. Putting you on mute--

21 DR. MCELMURRY: Yeah, yeah.

22 DR. WELLS: We'll put you on mute for a second or  
23 two and awaiting some other folks.

24 DR. MCELMURRY: Okay. All right. Thanks.

25 DR. WELLS: Where is Sarah?

1 UNIDENTIFIED SPEAKER: So is he on mute?  
2 DR. WELLS: Um hm.  
3 UNIDENTIFIED SPEAKER: What's the deal?  
4 DR. WELLS: He says he can only meet for a half an  
5 hour.  
6 UNIDENTIFIED SPEAKER: Is that Shawn?  
7 DR. WELLS: Yeah.  
8 UNIDENTIFIED SPEAKER: What the hell?  
9 DR. WELLS: Um hm. We're just going to say sorry  
10 buds.  
11 UNIDENTIFIED SPEAKER: This is one of the most  
12 important things in his day.  
13 DR. WELLS: And I would recommend though that if  
14 anybody can stay past 3:30 that it would be highly important  
15 that you do so. If we have to go that far. We're the ones  
16 funding them. Where is Sarah?  
17 UNIDENTIFIED SPEAKER: The room changed, didn't  
18 it?  
19 DR. WELLS: Um um.  
20 UNIDENTIFIED SPEAKER: Oh, it was--  
21 DR. WELLS: I just wanted to make sure you guys  
22 knew.  
23 DR. ZERVOS: Hello?  
24 DR. WELLS: Hi, it's Dr. Wells. Just waiting for--  
25 DR. ZERVOS: Hi, Eden. It's Mark Zervos. I'm on

1 the line.

2 DR. WELLS: Okay, thanks. We're going to get  
3 started in just another minute or two.

4 DR. ZERVOS: Okay.

5 DR. WELLS: I just texted Sarah, I don't know what  
6 the deal is. I'm going to get started for the sake of time.  
7 Who else did we have?

8 All right. This is Dr. Wells, and I'm just going  
9 around on the phone line, and then we'll talk about whoever  
10 is here in the room.

11 I heard Dr. Zervos, and Dr. McElmurry. Anybody  
12 else?

13 (No audible response)

14 DR. WELLS: Is there nobody else on the line from  
15 FACHEP?

16 DR. KILGORE: Hi. This is Paul Kilgore. How are  
17 you?

18 DR. WELLS: Good. I've got you on there. Okay?  
19 Anybody else?

20 DR. KILGORE: I'm just out--I'm out on north  
21 campus of the University of Michigan in public space.

22 DR. WELLS: Okay.

23 DR. KILGORE: It's the only place there's cell  
24 phone reception and--despite it being the engineering area.

25 DR. WELLS: Yeah, I know that dead zone very well.

1 Okay.

2 DR. SEEGER: And this is Matt, I'm in my office.

3 DR. WELLS: All right. Anybody else from FACHEP  
4 calling in?

5 DR. SEEGER: Yeah, Shawn will be calling in and  
6 Mark is able to call in.

7 DR. ZERVOS: Yeah, I'm on.

8 DR. WELLS: They're both on the call. So we have  
9 Shawn, Marcus, Paul and Matt. Anybody else?

10 (No audible response)

11 DR. WELLS: Okay. We have myself here in the  
12 room, Eden Wells. Cheryl Rockefeller is with me taking  
13 notes and just recording the call for purposes of  
14 documentation. We will share all the minutes with you and  
15 everybody will have a chance to edit.

16 To my right, do you want to?

17 MR. HORSTE: Sure. Ian Horste, from the Michigan  
18 Department of Health and Human Services Institutional Review  
19 Board.

20 MS. VAN WINKLE: Jessica Van Winkle, from DHHS  
21 Financial Operations.

22 MS. HENSLER: Jeanette Hensler, from the Bureau of  
23 Purchasing Grants Division.

24 MS. HANLEY: Farah Hanley, with Department  
25 Operations.

1 DR. WELLS: Excellent. So, just going to get  
2 started. The purpose of this is to review the issues that  
3 have arisen regarding the FACHEP study protocols. I have a  
4 copy of it here. But we're going to make this fairly quick.  
5 I know you are time limited, but I think that the matters of  
6 our--pretty critical importance at this point, and so I'm  
7 hoping that perhaps, while I realize you have other  
8 meetings, we do too, and we've been able to put them aside  
9 to address these issues in the timely fashion that they need  
10 to be.

11 I had several issues regarding the study protocol  
12 prior to yesterday evening when Sarah Lyon Callo recognized  
13 a data breach. I would have not have had this call today  
14 except for the fact that the data breach did occur, which  
15 led to the third and now possibly fourth potential issue on  
16 the protocol that needs to be addressed immediately. I was  
17 hoping that some of this other stuff could wait for a couple  
18 days, because I know that I've been providing you long-  
19 winded emails about the importance of the public health  
20 implications of your study.

21 I want to then just lead, just as a personal note,  
22 there's been a lot of conversation since the first U of M  
23 study, which is not funded by us, has come out with some  
24 feeling among our staff here, and including myself, that  
25 there's a number of your team that feels like this is our

1 first rodeo when it comes to research or investigational  
2 review boards.

3 Do know that we have a number of decades of  
4 experience in reviewing protocols, that we work with  
5 institutions not only throughout this state, but national  
6 renowned institutions throughout this country. We know how  
7 to do public health--no, I'm speaking. We know how to do  
8 public health study protocol development, we know how that  
9 it's supposed to be established. We request the very  
10 highest integrity of the science and the ethics that are  
11 involved.

12 This is the first time in my experience, starting  
13 this summer, that we have had to extensively revise study  
14 protocols and data use agreements over and over again with  
15 an academic institution.

16 Even doing so, because of that experience, we were  
17 very concerned about the implementation of this protocol, so  
18 I would like to go into the issues that have come arised,  
19 and I did--somebody was trying to step in. Is someone  
20 wanting to make a comment?

21 (No audible response)

22 Okay. I'm going to move on, study protocol  
23 issues. Under the environmental monitoring and residence  
24 survey protocol, randomization strategy. One of the things  
25 that have come up that was discussed with me with a water

1 engineer expert, Shawn, is there is not very much clarity  
2 with the data that you currently have that fed the press  
3 release that was released two days ago. How randomized your  
4 group was and whether all of these cases represented a  
5 certain cohort.

6 When I look through the protocol you have initial  
7 statement on page 21, that you're going to have a randomized  
8 household study. On page 36, it then states that you're  
9 having a randomized stratified study with two tiers, 50  
10 percent of which will be in a low chlorine environment, or  
11 perhaps a high density of vacant households, and the other,  
12 tier two, would be in "other Flint households".

13 Our question is at this point, one, is in the  
14 results for the press release that occurred there has been  
15 some questions as to what households did that data  
16 represent. Can you--do you have that information?

17 DR. MCEL MURRY: Eden, this is Shawn. So thanks a  
18 lot of for bringing all of this up, and I'm happy to try to  
19 address this as best I can. I did send an email late last  
20 night that I thought addressed this. It is difficult for us  
21 to be able to tell right now because of the way we identify  
22 our samples. So we will be able to tell you exactly how  
23 those samples are selected, where they were collected, and  
24 that kind of information. But as of right now, I can't tell  
25 you, per se, that, you know, 20 percent is with this, and 10

1 percent is with this strategy.

2 From an engineering perspective, it really didn't  
3 matter, it was far beyond what it normally--what would  
4 normally be expected within a water distribution system and  
5 that's why we thought it was important to relay that  
6 information to the public and the water utility.

7 DR. WELLS: Okay. I'm not really going into the  
8 nature of why the press release, because I think we're all  
9 in agreement with that, what I'm going back to is the study  
10 protocol.

11 So the protocol outlines a randomization strategy.  
12 Can you--I guess the concern is--

13 DR. MCELMURRY: Sure.

14 DR. WELLS: --is that there a randomization  
15 strategy being conducted? Because, if so, there should be  
16 randomized samples from both tiers, as well as outside of  
17 the city, and as well as in another control group, I guess  
18 it's Control Group A and then Control Group B. But the two  
19 tiers should also be sufficiently randomized.

20 The reason why I'm asking this is the question is  
21 do you have a randomized two tier study, or is it a  
22 randomized two tier cluster household study?

23 DR. MCELMURRY: So we have--both are randomized.  
24 So let me explain, so we have one population, the entire  
25 city, we'd just randomly select addresses, okay? So that's

1 the one-half of the in the city. Outside of the city, it's  
2 all randomized for the other areas, okay?

3 So, inside the city, there's half the samples are  
4 purely randomized, and then we have another selection  
5 process where we take a--the water age, the chlorine levels,  
6 and then the housing density, and--or vacancy rate, excuse  
7 me, and then we create a Z-score for those values and we  
8 take those three Z-scores, we essentially multiply them  
9 together, this is my understanding, I'm sure a statistician  
10 could clarify this for me, created distribution and randomly  
11 sampled from that distribution.

12 DR. WELLS: Okay. So--and right now you--then how  
13 are--I guess the question is so somebody is doing this  
14 randomization for you, and then you're getting a list of  
15 households for which you'll send teams out to go sample?

16 DR. MCELMURRY: That's exactly right.

17 DR. WELLS: Okay.

18 DR. MCELMURRY: That's exactly right.

19 DR. WELLS: So you were basically conducting a  
20 randomized study plus a randomized--I'm going to assume  
21 there's going to have to be a cluster component in there  
22 because of the spacial clustering of these chlorine areas,  
23 your Z-scores? You're not aware of what that's involving?

24 DR. MCELMURRY: No, I mean, those are the three  
25 factors that we essentially generate a score for each area

1 and then I believe--I believe it's at maybe a percentage  
2 track (ph), it might be at the block group, however, I can't  
3 remember the exact level at which those, these scores are  
4 scored, and from those groups we then basically randomize--  
5 be kind of like a weighted randomization for those areas.  
6 Does that make sense?

7 DR. WELLS: Yeah, it does. I don't--I'll defer to  
8 any of the EPI's or statisticians, but it seems that one of  
9 the questions I would have is how well the randomization is  
10 occurring in the different sized clusters, unless your  
11 clusters are actually made even. By population.

12 MR. MCELMURRY: So in the interest of time, why  
13 don't I have our statistician, Sammy Zahran, provide a  
14 written explanation of how that's done.

15 DR. WELLS: Okay, that would be great. Yeah, if  
16 you could just please provide the strategy, this keeps  
17 coming up with our--the engineers and water quality experts  
18 and I was not part of that phone call that you had the other  
19 day, but we did--it did prompt us to go back to the protocol  
20 and insure that, in fact, you're conducting a randomized  
21 strategy, which it sounds like you are. The only concern I  
22 would have is if the clusters are not--are being treated  
23 independently.

24 Did you have anything else to add to that, Sarah?

25 MS. CALLO: No, go ahead.

1 DR. WELLS: Okay. All right. So very good. The  
2 next issue, and this was a very strong component of what was  
3 requested by the leadership of the several departments at  
4 the state, and certainly those of funding entities, is that  
5 the control protocol must be part of this study, so it  
6 sounds like you still don't know how many cases are--in the  
7 press release were in Tier 1, Tier 2, Area A or Area B?

8 DR. MCELMURRY: So I can tell you the last time I  
9 checked we had 25 percent of our samples from the control  
10 area.

11 DR. WELLS: Which one--

12 DR. MCELMURRY: We have had a very big challenge  
13 in trying to get sampling from the control group, we've had  
14 overwhelming response to our--our response in Flint.  
15 Response outside of the area has been challenging. We've  
16 been addressing that with improved recruitment strategies  
17 and that has been getting much much better over time. We're  
18 still not to the 50, you know, percent, the equal

19 distribution that we'd like, but it's--I'm sure it's over 25  
20 percent based on the last time I checked now.

21 DR. WELLS: Okay. So that would be Control A, is  
22 the 25 percent of your samples of the 78 households that  
23 were in Control A?

24 DR. MCELMURRY: That's right.

25 DR. WELLS: Okay, thanks. All right. So this--

1 the issue we're having here, as you know, and I realize--I  
2 know you've discussed the issue of difficulty obtaining  
3 controls, however as part of it, under the contract as well  
4 as the IRB, the randomized control aspects must be conducted  
5 in a fashion that maintain the internal and external  
6 validity of the study. So when, you know, for instance,  
7 Control Area B needs to probably be sampled during the same  
8 time frame as Control A, as Tier 1, as Tier 2, because  
9 you're going to run into seasonal fluctuations and perhaps  
10 temporal or historical changes in the water lines or the  
11 areas of the homes.

12 Again, I've got smarter epidemiologists than I in  
13 the room, but am I capturing that correctly?

14 (No audible response)

15 Okay. People are nodding here. So I do realize  
16 that you were stating that it's difficult to do, we do know  
17 the controls. I know we were talking with the CDC and it  
18 takes like 3,000 calls to get enough for controls to do even  
19 a food-borne study, but that's the nature of the beast. And  
20 so my concern is that there is, you know, the press release  
21 sort of brought it up, and again no problems with the press  
22 release itself, but the idea that as data continues to be  
23 analyzed with context or controls, the inability to  
24 adequately interpret that data, or that public health  
25 importance, gets very difficult. And my worry is that

1 FACHEP will be putting the emphasis on the control  
2 investigation onto the back burner. And that would include  
3 Area B, I'm glad to hear that there's progress in Area A.

4 DR. MCELMURRY: Yes. And all I can say is that we  
5 share your concerns and we are working as hard as we can,  
6 given the resources we have to do that, and, yes, we'd share  
7 that and we recognize that.

8 DR. WELLS: Okay, great. Thank you. So the next  
9 thing that really comes to the importance of such, and you  
10 had asked, I talked to you about data sharing yesterday.  
11 The EPA, the City of Flint, and DEQ have requested the data  
12 that you have regarding the low chlorine levels. Has that  
13 been sent to them yet? That was the data sharing I was  
14 referring to?

15 DR. MCELMURRY: It has not, we did not have price  
16 speci--we do not have spatial attributes attached to that  
17 data. When we do get the spatial attributes finally tied to  
18 the data, we will have to go through somewhat of the  
19 identification process, so that they don't give specific  
20 addresses per our IRB.

21 DR. WELLS: Am I being to harsh, or should I just  
22 keep going?

23 MS. CALLO: Just keep going.

24 DR. WELLS: Yeah? Okay, so we're having--this is  
25 probably the meat. I kind of, you know, I feel pretty good

1 as much as we went over the study protocols with you this  
2 summer regarding how important we all feel about the  
3 randomized control status. However, what really brought up  
4 with the press release this week is that there was a  
5 reference to under-chlorination to a population in the  
6 community. And then questions were, of course, being  
7 brought to me by your group as to what recommendations I  
8 would have for those groups.

9 Unfortunately, this becomes a highly complicated  
10 water engineering issue which I would hope would--of--had  
11 some information from your group to help us in that decision  
12 but also having to work with DEQ and EPA to do that. Your  
13 program--this project is clearly at, by virtue of how it's  
14 developed, has the ability to identify, either individual or  
15 public health risks on any given day.

16 Now, what probably--you all have done this type of  
17 study before, Shawn. I've done other studies that have  
18 shown environmental issues, but as far as we were kind of  
19 fine tooth combing this protocol this summer, what is  
20 concerning is that there does not seem to be a process in  
21 place, and you'll here on the agenda that I wonder if this  
22 would be a potential contract addendum. Because there is a  
23 public health threat that could be identified in your study,  
24 whether it is microbial growth, whether it is low chlorine  
25 levels, there must be a way that you immediately are able to

1 not only, once you identify that in your data, that you were  
2 able to immediately--immediately identify the households  
3 impacted so that information may be relayed immediately to  
4 the city, DEQ, EPA, and the public health authorities.

5 And I---my co--EPA mentioned to me last evening  
6 that they've understood that you've had this identification  
7 of low chlorine levels in your households for over two  
8 weeks. They've been waiting for the data since yesterday  
9 morning or the night before. This is, I think, a  
10 particularly problematic ethical issue regarding, you know,  
11 having data, then reporting about it in the public but then  
12 unable to provide us the information to respond. And so I  
13 do think that this is the most important issue we need to  
14 resolve today as to how you all are going to be able to get  
15 that data to the city, which should have occurred probably  
16 over 24 hours ago, if not two weeks ago from my EPA  
17 understanding.

18 What are your thoughts on this, because I don't  
19 see how we can move forward without that type of safety net  
20 in place.

21 DR. MCELMURRY: Thank you, Eden. We do share your  
22 concern about these values. Part of the reason why we  
23 shared these results immediately before even analyzing them  
24 in the level of detail that you're requesting, I shared  
25 those with Mark Dernal (ph) originally when I started

1 recognizing the data coming back at those levels, and he did  
2 not raise any alarms to me that that was a concern to him.  
3 He did say he looked at the data, he never said, no, this  
4 has to--you know, reported--want anything. So, you know, I  
5 do--I am concerned about the values, that's why I reported  
6 it as soon as I realized that we had this problem. I'm  
7 reporting to real time (??). The protocols we're using, he  
8 identifies the data and it takes time to push that back. I  
9 have devoted two people now, taking them off other things  
10 and putting them--prioritized, getting this part down.

11 DR. WELLS: Slowing us way down.

12 DR. MCELMURRY: With that there's a lot of  
13 checking the addresses, you know, and those kinds of things  
14 to make sure we're accurately understanding the problem.  
15 And that's what we are doing now. And as soon as we have  
16 that data, I will be sharing it with all.

17 DR. WELLS: Okay. I don't know, that may not be  
18 sufficient, I'm going to sto--I know I've been talking as  
19 though as I probably had way too much caffeine. But let me--  
20 -Sarah, do you want to weigh in on this?

21 MS. CALLO: So Shawn, I'm trying to understand.  
22 So you collect these samples in. You get a result, it's--  
23 de-identified or separated from the address at that point  
24 and then the testing occurs and then a result comes back and  
25 you can see there's an issue, but you don't have a very

1 quick way of relating that back to the address that the  
2 result came from? Is that the issue?

3 DR. MCELMURRY: Exactly. Because we--through our  
4 consent process that information is kept separately. It's  
5 not that we can't get it back, but we have separate barcodes  
6 for these things. On the barcodes there's no way for me to  
7 look at the barcode and tie it to another sheet without  
8 doing it in the database. And so the field sheets that are  
9 handwritten have to be manually entered into the database on  
10 both sides of that before we can start tying these together.  
11 And so that's what we are building on both sides.

12 (Ms. Wells and others are speaking to each  
13 other while he is speaking)

14 I can tell you already that we have all the  
15 addresses, at least up until I don't know, Monday or  
16 something like that, last Friday probably, Saturday  
17 probably. All of these addresses in the database they're  
18 checking them because there are errors. I've known of one  
19 particularly that was, you know, 2200 and it should have  
20 been 22--2202, and it should have been 2022, and that  
21 creates a huge difference in location. So those kinds of  
22 things take time to ferret out.

23 And then on the flip side we also have our field  
24 data sheets that come in. They are spot checked when  
25 they're brought in, but they do not--they have not been

1 entered into the database until we started seeing these  
2 generally, you know, these system we were weaving. And so  
3 that's why--that's why this has kind of--I'm feeding this in  
4 pieces because I'm giving you a real time understanding of  
5 the situation. It's not that I have a better understanding,  
6 it's what I'm relaying to you.

7 MS. CALLO: Um hm.

8 MR. MCELMURRY: And so when we started realizing  
9 this we're devoting resources to that, but to be quite  
10 honest we don't have the resources to be able to do that in  
11 any faster fashion than we're currently doing now.

12 MS. CALLO: So have you thought about using like  
13 scan-tron (ph) forms and things like that so that you're not  
14 having to do hand entry?

15 DR. MCELMURRY: So we have scan-tron forms for our  
16 surveys, but for field data when you're recording, you know,  
17 chlorine levels, that is a handwritten number.

18 DR. WELLS: But you've only done 78 households  
19 right now, right?

20 DR. MCELMURRY: What's that?

21 DR. WELLS: You've only done 78 households at this  
22 time, is that right?

23

DR. MCELMURRY: No, we have--I mean, I think--I

24

don't know what the total number is right now, it's over 100

25

households that we've sampled.

1 DR. WELLS: Okay. That's good to know. No, and  
2 we're trying--and I guess here's the issue as I realize that  
3 you--you know, but--but if there--here is the concern, I  
4 guess, that I was really struggling with in the last 4 to 8  
5 hours. There are attorneys ask us what is going on with the  
6 response to lower chlorine residuals in households. Now, it  
7 turns out EPA and DEQ say look the chlorine residuals  
8 themselves don't automatically require a boil water alert.  
9 Thank goodness they were able to respond to that question of  
10 mine.

11 MR. MCELMURRY: Yes.

12 DR. WELLS: However, it does require an immediate  
13 response by the city and by the EPA and DEQ to immediately  
14 go assess those homes. So if that's not happening, what we  
15 have is an ethical issue of people who have knowledge and,  
16 in fact, frankly reported knowledge of potential health harm  
17 into the public, but without the ability to identify where  
18 that harm is. So I think that there's going to have to be a  
19 way to better identify those households at risk. I am not--  
20 and I guess other than--we do a lot of field studies and I  
21 have never heard of it being that difficult to get back to  
22 the home that we're actually working with. I mean, this is  
23 what we do in public health, but I would have to refer you  
24 to other folks that are actually on the ground that are more  
25 experts than I, 'cause I don't know what that answer would

1 be at the moment.

2 Do you, Sarah? Other than scan-trons?

3 MS. CALLO: (No audible response)

4 DR. MCELMURRY: So, so--Eden, if I could suggest  
5 something here. I would be happy to have you and Sarah and  
6 anyone else who is interested walk through the operation  
7 that we have set up in the Broome Center to see all the  
8 processes that we do. And we intentionally put in barriers  
9 to this to prevent actional release of identifiable  
10 information. Unfortunately those barriers also create--  
11 there is when we try to put it back together. In other  
12 settings I have had far less controls on some of these  
13 things, it's a lot easier for me to say, okay, I'm going to  
14 sit down today and I'm going to pull this all together.  
15 Unfortunately that is not this situation, and, you know,  
16 with more time, you know, maybe they could come up with a  
17 more streamlined process, but we're really strung on the  
18 number of people that we can devote to this. There's just  
19 not--I mean--

20 DR. WELLS: So you--so the question we have here  
21 is apparently you have done this type of research before  
22 where your findings can have public health implications, but  
23 in previous studies you've been able to address, you know,  
24 identifying a public health threat because you could tie  
25 things back to the household.

1 But in this--in this study protocol you cannot.

2 DR. MCELMURRY: So the answer to that is I have

3 done this kind of thing, we've measured chlorine before and

4 we found it low. And I reported that back to the EPA and

5 DEQ. In, you know, about the same time that I'm doing now.

6 You know, I have not had the same level of urgency from the

7 DEQ and the EPA regarding the data I'm showing. I'm trying

8 to identify issues that they should be looking closer at

9 with the system. Apparently they tell me that there are--

10 the chlorine levels in their system are being maintained,

11 which is of course good, but there might be other underlying

12 problems that we haven't been able to verify and that's why

13 we're trying to get this done, to be able to have a better

14 understanding of that.

15 DR. WELLS: Yeah, I think the urgency came when

16 there were requests from your group for me to try to advise

17 on a public health response. I know that your team doesn't

18 want to make public health recommendations, and we don't

19 want you to, but this is precisely the issue. We cannot

20 make a public health response determination without the

21 ability to test these sites. So I'm--

22 DR. MCELMURRY: So, what--

23 DR. WELLS: --I think this is important.

24 DR. MCELMURRY: I'm sorry. I'm sorry for

25 interrupting.

1 DR. WELLS: Go ahead.

2 DR. MCELMURRY: One of your items on this is  
3 public health versus individual--public health versus  
4 individual health threats and we're unsure if this is a  
5 public health threat or an individual health threat because  
6 we don't have enough information. Okay? So that's why, you  
7 know, any time we--if we were to find something that we  
8 think is a public health threat, we will, of course, relay  
9 that information as fast as we can. The same thing goes  
10 with individual. So I understand the position you guys are  
11 in and we're trying to get to you as fast as we can with  
12 prioritizing and, you know, I wish it could be faster, but  
13 given--given what we have, we just--

14 DR. WELLS: For the sake of the agenda, for--I'll  
15 take that under advisement, but I am--that could be an  
16 issue. I guess my co--I just could imagine, maybe you find  
17 something--somebody's got some horrendous I don't know what  
18 in their water and that you--that this perhaps as one of  
19 those things where we all go duh, in the middle of a study,  
20 but this has to be addressed to preserve the safety of the  
21 people being studied.

22 DR. MCELMURRY: You know, maybe in the interest of  
23 time, I understand this is a really critical issue, but let  
24 me make a suggestion. One thing we may be able to do is  
25 change our protocol so that any time somebody comes in with

1 a chlorine level below some threshold, .1 or .2, that, you  
2 know, they immediately somehow bypass some of the system and  
3 so that we can have, you know, more immediate response. But  
4 the other problems--so--I don't--I don't know--that's--

5 DR. WELLS: That's something to think about, yeah.

6 DR. MCELMURRY: --something--have to talk in more  
7 detail.

8 DR. WELLS: I think it's under the title potential  
9 contract addendum essentially. Because what it brought  
10 really to light is we had attorneys at our level basically  
11 wanting information that we were trying to get from your  
12 group as to what type of threat this constituted and it  
13 sounds like even as of today that is actually--

14 DR. MCELMURRY: We don't know.

15 DR. WELLS: --still unclear. And so--

16 DR. MCELMURRY: Yeah.

17 DR. WELLS: --this is--and so you can imagine that  
18 this has put us into a bit of a bind. All right. So that's  
19 okay. And then, you know, again I think that leads into  
20 number three which is the immediate identification of an  
21 affected household. So there may need to be a screening  
22 step or something that involves the safety of the wa--of  
23 the, you know, this is to protect public safety essentially  
24 that they--there are individual and public health risks for  
25 any study that is looking at issues that may affect health,

1 obviously, within the water system.

2 All right--

3 DR. MCELMURRY: So, let me--can I add to that real  
4 quick, Eden, if you don't mind?

5 DR. WELLS: No, absolutely.

6 DR. MCELMURRY: What would help us is to  
7 understand--in the inner protocol we did have with the  
8 Bilden (ph) investigation side of things, we did have a  
9 threshold in which we would report to you guys as a  
10 (unintelligible). And that's in part of our consent process  
11 with the individuals. We do not have that in the other  
12 protocols in the household survey. So that's something we  
13 all missed. So as a result of that, I need to ask  
14 individuals to report--to allow me to report their  
15 individual address back to you.

16 DR. WELLS: I think so, yeah.

17 DR. MCELMURRY: Protocol change? I'm not against  
18 that, I just--I think we need to think about that and do  
19 that.

20 DR. WELLS: And think about it while preserving  
21 this obviously. So, you know, here's the issue, folks, and  
22 just so we're all clear and I know I started off just wanted  
23 to get my word in because I've been concerned that I think  
24 sometimes people think we in public health really don't know  
25 a whole bunch of stuff, but, you know, we clearly want an

1 independent research group. We don't care how much  
2 Legionella you find, I mean, whether you're finding it, you  
3 know, in the street puddles, we're okay with that. I'm  
4 totally okay with that. This is not to limit the work that  
5 you're doing or to even change the findings. What we do  
6 need to make sure that we're not getting stuck in a  
7 situation where, you know, this is not even to do with a  
8 protective order, is that first, that the internal and  
9 external validity of the study is not compromised; second,  
10 that the ethical issues and conc--you know, requirements are  
11 always maintained. And the third is that the public health  
12 and safety is always foremost. And so that's really the  
13 issue. So if it means a change in protocol, it would--we  
14 would obviously want that to do be done, that would not  
15 compromise your study's integrity.

16 But it is of enough concern that I think--I feel  
17 that I was put in an untenable situation, I still remain in  
18 an untenable situation, and it sounds like that we still  
19 haven't been able to get the data going. So I think if we  
20 can think about that over the weekend, we'll be glad to work  
21 with you with any thoughts on a potential contract addendum.  
22 Okay?

23 DR. MCEL MURRY: Yeah. And let me just say this.  
24 We do not think that--we appreciate your experience,  
25 everyone there. We understand you guys are a dearth of

2 experience, we in no way take that for granted, and so, you  
3 know, please, this has been said multiple times and I'm  
4 sorry that some of you may have gotten the impression that  
5 we do not appreciate your backgrounds and your expertise  
6 because we do realize it, and we consider it extremely  
7 valuable, that's one of the reasons why we've had--at least  
8 early on we had a back and forth relationship on  
9 communication.

10 DR. WELLS: Right.

11 DR. MCELMURRY: So I would like to say in the  
12 interest of time one of my suggestions on this is we did  
13 meet regularly, and part of this might be attributed to the  
14 PO, you know, that was put in place.

15 DR. WELLS: Yeah.

16 DR. MCELMURRY: I think we need to do that. I  
17 think, obviously, because of the protective order, we should  
18 even with Genessee County help--

19 DR. WELLS: Sure.

20 DR. MCELMURRY: I think we--you might keep that,  
21 you know, we need to get to a standing meeting to have  
22 communication more frequent, I think that will ease a lot of  
23 these--

24 DR. WELLS: Yeah, and I think--and as you said,  
25 even as much as all of us went through the protocols,  
26 because this was so complicated, I know this is probably one

1 of the more complicated multi-stratified protocols that  
2 we've--that I've had experience working with, and certainly  
3 with you all this summer, that it certainly didn't occur to  
4 me until we got into this situation this week that that type  
5 of notification or feedback loop has to be more immediate.

6 All right. So we'll do that and certainly we'll  
7 broach the possibility of following meetings without  
8 upsetting our prosecutors.

9 Just to move in, Item B I think has been  
10 adequately been addressed by Ian Horste, who is here today,  
11 and I appreciate your confirmation that you've addressed  
12 this with your IRB and that you're putting in additional  
13 safety measures for protection of any data that's released  
14 by our department. I don't think we need to go anymore  
15 unless, Sarah, did you have anything?

16 MS. CALLO: So one thing I did not say in my  
17 email, Paul, you know, I figured you would be reporting to  
18 whatever portions of your university you have to report  
19 breaches to, but I did want to make sure that you were aware  
20 that reporting--

21 DR. MCELMURRY: Sarah--

22 MS. CALLO: Yeah.

23 DR. MCELMURRY: This is Shawn. And first let me  
24 apologize on behalf of our entire team and, you know, that  
25 is not something that obviously was an accident and it's not

1 something that we ever wanted to happen and we will try our  
2 best to never let that happen. And that would be why we'll  
3 be meeting after it to make sure we review the DUA, review  
4 our IRBs and the Scott (ph) positional measure that we can  
5 put in, I'm happy to update you on that.

6 Let me just say this, that I appreciate you email  
7 identifying this, and, you know, I really appreciate all the  
8 immediate response to your follow-up with that last night  
9 and this morning. This morning our IRB office did receive  
10 notification, multiple notifications from us, including a  
11 formal--you know, the formal protocol form submitted and so  
12 our IRB office is fully aware of the situation and it will  
13 be reviewed--I'm not exactly sure who's going to review it,  
14 but it goes to a panel or a board or something like that.  
15 So there will be follow-up there and I'm happy to connect  
16 our IRB to Ian and make sure that's taken care of. But we  
17 will resolve it, this is unacceptable from our standpoint  
18 and, you know, it's not going to happen again.

19 MS. CALLO: And I appreciate that. It's not the  
20 first project I have worked with that has had a breach and  
21 the importance is that breaches are addressed when they  
22 occur and that there is an immediate response as well as a  
23 response, a preventative response. So both remediation and  
24 prevention need to occur after a breach.

25 Here at the department when we have something like

1 this happen, if it's an IRB covered project, of course we  
2 report to IRB but we also report to our privacy area as  
3 well, even if we--we're not sure it's a breach or not, so--  
4 and all of those things here have to occur within 24 hours.

5 So since I didn't know your Wayne State  
6 procedures, I did not want to, you know, appear to be  
7 instructing you on your own, but I also wanted to be sure  
8 that that had been thought of at your end and covered.

9 DR. MCEL MURRY: Yeah, it has. And I'm happy, you  
10 know, if there's any questions, please, I'm sure Paula and--  
11 any of us would be happy to discuss and come up with the  
12 both immediate and, you know, long term actions.

13 MS. CALLO: Well, I think the data use agreement  
14 is fairly well written in English. A lot of data use  
15 agreements it's all this party to that party, blah blah  
16 blah, and this one is fairly plain English. So I think, you  
17 know, just routinely looking at that, so that you're not  
18 forced to operate from assumptions would be a good idea. I  
19 know, you know, like something you can check off and be done  
20 with.

21 DR. KILGORE: This is Paul Kilgore. I just want  
22 to say you're absolutely right. And I wanted to say thank  
23 you very much, Sarah, as well. And also echo all the  
24 tenements that Shawn expressed, well put, and we thank you  
25 very much.

1 MS. CALLO: Okay. Well, there is a couple of  
2 things I did want to reiterate about the data use agreement,  
3 just so that, since we've got this moment we can do that.  
4 When you look through it, there's an Item Number 7, towards  
5 the back. It's in Section 2, "Agreement Conditions".

6 DR. WELLS: Page Six of Eight.

7 MS. CALLO: Yeah, Page Six of Eight, of the  
8 executed version. And there there's a piece about providing  
9 MDHHS with at least 30 days notice to review and provide  
10 comments on papers, publications and presentations that data  
11 recipient plan to submit for publication for presentation.  
12 That's one of those ones where that's easy to get missed, I  
13 know from other experiences. I think, you know, again,  
14 it's--it would be particularly, if we're talking about a  
15 contract amendment or something, it would be a good idea to  
16 look at Item 2 under Section 2, the same page, in terms of  
17 who your team members are, you know, in case like you've  
18 added a PI or something like that, somebody needs to be  
19 added to the data use agreement so that you're being  
20 proactive in approaching the department about that ahead of  
21 time.

22 And then, I mean, quite frankly, when I saw the  
23 email come through, I mean, this was the first thing I  
24 reached for and I was just reading through on page one, you  
25 know, sections one and two, about what was our intention

1 about what would get shared. Because, again, the purpose of  
2 this is not in any way to slow down the research or be  
3 punitive or anything like that, it's not what--you know, not  
4 what I'm interested in being or doing, it is to make sure  
5 that we are protecting the public's trust in allowing us to  
6 use this data. So--okay, so--

7 DR. KILGORE: Well, said. Thank you for pointing  
8 it out.

9 MS. CALLO: If you'd take a look at those too, I  
10 would very much appreciate that. And, Paul, thank you for  
11 the speed with which you got your email out to people and  
12 your responsiveness there, that was very much appreciated.

13 DR. WELLS: Yeah, I agree, that was fast and that  
14 was good.

15 Just a couple things and I know you all--it's  
16 already past, but I think it's important. We did note that  
17 with that email, Paul, that you had designated Mr. Valichek  
18 (ph) a co-principal investigator.

19 Carrie, are you on the line by any chance?

20 MS. WAGGONER: Yes, I'm here.

21 DR. WELLS: Okay. This was just a question we had  
22 regarding--I don't know, the key personnel were already  
23 identified in our contract, and so I'm not certain, while  
24 you may have subcontracted with Mr. Valichek (ph), I'm not  
25 so certain that he is a key personnel, so I don't think you

1 can make him a co-PI. I think it would have to be a  
2 subcontractor. I'm looking at my con--I've got three  
3 contract people in front of me here. Okay, they're nodding.  
4 So your designation of a co-PI probably would not be  
5 accepted and should probably have come through us first.  
6 You can subcontract, but that person could not be made a key  
7 personnel unless that is brought to our contract people.

8 DR. KILGORE: Okay. And with Shawn what we will  
9 do is go back to our--Mike Anderson and Mike Moffer (ph),  
10 the grants and contracts folks and review that with them so  
11 they're aware of what your policies are as well.

12 DR. WELLS: Okay, thanks. And there is some  
13 specific language that Farah has that we can forward to you  
14 if need be.

15 DR. MCELMURRY: I appreciate--I missed that, and  
16 also when we do subcontracts oftentimes at the other  
17 universities, and I realize FACHEP is not a university, but  
18 other universities they will, the people at the university  
19 that are awarded the subcontract will call themselves a PI  
20 for the university contract. So that's probably, you know,  
21 we'll have to make it right and we'll review all of our subs  
22 to make sure that it aligns with state policy.

23 DR. WELLS: Yeah, I don't think it's just state, I  
24 know I've done a number of subcontracts over at our  
25 university and the key personnel are usually identified

1 prior to the implementation of the study. So when you're  
2 subcontracting out after the study has been done, I'm not so  
3 certain you can just add key personnel on that in the middle  
4 of the game. So I just wanted to make a point if there's  
5 any updates or changes or additions to key personnel, let  
6 our staff--if anything, you know, Ian, myself, really--  
7 Sarah, us three, we'll make sure we're working with our  
8 contract people who are here with us today.

9 That's not to say I don't think the contract  
10 should be there or anything, but it starts changing or  
11 altering the study's structure as it was submitted. Okay?

12 DR. MCELMURRY: Appreciate that, Eden.

13 DR. WELLS: Yeah. And so that's--I actually, and  
14 again I want to reiterate, the press release, I really--  
15 actually, to tell you the truth, I had no concerns with  
16 until our attorneys asked a question. And then the  
17 attorneys asked a question, I went, oh, you know, again,  
18 slap on the forehead, let me call my folks over at FACHEP to  
19 help me answer this question. And I know that there will be  
20 other press releases, because we do want your findings. I  
21 do want--if there is information that needs to get out  
22 there, folks, and Matt, you were wonderful sharing it, as  
23 you've done with all the stakeholders, and, in fact, that  
24 totally complies with the data use and all of that, that you  
25 really engage to stakeholders.

1 I do ask, when a press release goes out, one of  
2 your team, technical people or whoever--whoever the person's  
3 expertise best ties to what the content is in the press  
4 release, be available. You need to understand, I am calling  
5 you guys. It is not to say hello. I'd love to, but it's  
6 usually because we've got something burning. And when I've  
7 got the assistant attorney general waiting on another line,  
8 I would have appreciated a response, and the only timely  
9 response I got was from Matt Seeger--bless you, Matt, thank  
10 you, I know you were you on another call, but that was  
11 precisely--I needed technical people. And then it took me--  
12 and listen, I've got about as many meetings as you guys do.  
13 Maybe or maybe they're not as important as your work, I  
14 don't know, but I spent the afternoon then finding--being  
15 able to get this information from EPA and DEQ, which  
16 actually doesn't make me feel real comfortable because I  
17 actually want the scientific input from the actual  
18 independent authority that generated the data.

19 So if we could just be sure in the future, be  
20 available. You certainly were prior to the release of the  
21 press release, but then you all disappeared, except Matt.  
22 So that is a personal plea. Go ahead.

23 DR. MCELMURRY: This is Shawn, and let me  
24 personally apologize--

25 (Dr. Wells is speaking internally while Dr.

1 McElmurry is speaking)

2 DR. WELLS: That there was nobody to question--  
3 yeah, they did about the contents.

4 DR. MCELMURRY: --were not paying attention to  
5 your calls, I certainly prioritize everything you do. You  
6 know, part--I've had times when it's been difficult for me  
7 to understand based on the protective order what I can do,  
8 but certainly I know there were times on Tuesday that I was  
9 just tied up with things and could not answer my phone. So,  
10 like teaching in a class I can't leave my phone on when I'm  
11 teaching. So there's certain things I will try to make it  
12 real clear, you know, when I'm available and whatnot.

13 (Speaking in room while Dr. McElmurry is speaking)

14 DR. MCELMURRY: But--I just--my apology and please  
15 understand that I, you know, I really do try to respond to  
16 you as fast as possible.

17 DR. WELLS: Yeah--

18 DR. SEEGER: This is Matt.

19 DR. WELLS: Sure, Matt.

20 DR. SEEGER: If I could just add, you know, there  
21 some reasons, strategic reasons why we did the press release  
22 when we did. But should we do another press release in the  
23 future, I think we need to have more coordination with you  
24 folks before the press release goes out, with your  
25 communications staff. You know, I've worked very close with

1 Angela, I'll keep working with her--

2 DR. WELLS: Yeah.

3 DR. SEEGER: --and Jennifer. But I think there  
4 are some things--I mean, we could share some points with  
5 you, some of the talking points that we're thinking about,  
6 some of our strategy, I know that came out in the  
7 conversation but I think had we shared that with you more  
8 fully in advance you might have understood a little bit more  
9 clearly what we were trying to achieve with putting the  
10 press release out when we did.

11 DR. WELLS: No, I understood the strategy of that,  
12 but I think maybe if you know then it might be at a time  
13 hopefully that there's not a teaching of a class. Or I  
14 would ask, I think if you all--I mean, if you were the only  
15 person to answer that, or if you have a study manager, I put  
16 that actually above, study manager or data coordinator who  
17 can answer these questions in addition to, or figure out a  
18 way to state, you know, I'm teaching for an hour I'll get  
19 back to you during break or something.

20 But I have also been caught with calls from higher  
21 ups when I'm in the middle of teaching. I have actually  
22 learned to actually have to stop at times to step out. I  
23 have certainly had to step out of at least four different  
24 meetings on that afternoon because we have to prioritize the  
25 public health threat. And so that's just something to think

1 about, that usually when we're doing that is because we have  
2 a particular health issue that may be at hand. Okay?

3 So just thinking about that, we'll work together  
4 on that. Okay?

5 DR. SEEGER: Thank you.

6 DR. WELLS: Yeah. And I think that's it, other  
7 than I was just going--we can talk about this another time.  
8 There is the--Sarah already brought up the IRB and privacy  
9 officer reporting issues. Just that we're going to be  
10 getting into monthly and quarterly reports as well, and  
11 thinking about what kinds of formats those should be in.  
12 But we'll table that.

13 I appreciate this, I just--the reason why I was  
14 sort of waxed wroth at the beginning is that there is  
15 really--there's been a number of meetings all together, or  
16 whether it's in through emails that may or may not be as--I  
17 don't think--personally I think we all respect each other  
18 really well, but I think sometimes there is perhaps not an  
19 awareness that our lives here, we are on triggers, and it's  
20 not just because of Flint, but we are--our careers, our  
21 lives, our passions are built around the immediate need to  
22 respond to an individual or public health threat.

23 Just like, I know Mark Zervos, you get to call  
24 somebody's, you know, your guy's going septic and you're  
25 running down the hall. You know, it's just that's our

1 trigger response. And so there's been some feeling that  
2 perhaps while academia is, you know, collecting all this  
3 data and may be able to sort of talk about this in the  
4 press--and, again, I'm not faulting you on the press  
5 release, but the impression was is oh, well, you know, MDHHS  
6 will go figure out what to do about this, and I--and so I  
7 just want, I plead that, you know, public health, to us in  
8 our world reigns supreme, and we will--we will continue to  
9 advocate for your role as an independent, as independent as  
10 can be, but remember we're funding you, and our IRB is with  
11 you, but we want you to be as independent, we want you to  
12 find anything with the system that had anything to do with  
13 the Legionella outbreaks would be great, but to please  
14 understand our passion and some of our knowledge when it  
15 comes to trying to do these studies in the public sector.

16 All right?

17 DR. MCELMURRY: Thank you, Eden.

18 DR. SEEGER: Yeah, thank you.

19 DR. MCELMURRY: Thanks a lot for your time and  
20 making this work. And let's maybe next week we can have a  
21 longer discussion of some of these things and really get  
22 down to business on some of these critical issues.

23 DR. WELLS: Yeah. We can work together on this  
24 potential addendum, okay?

25 DR. MCELMURRY: Thanks a lot.

1 DR. WELLS: Is there any other words for the wise?  
2 Our contract people have been quiet but they've been nodding  
3 a lot and helping with the--Carrie, any thoughts on your  
4 end?

5 MS. WAGGONER: No, I don't have anything to add.

6 DR. WELLS: Okay. For you guys, again, thank you.  
7 You are great partners, but we felt this was really  
8 important and I appreciate just being able to get this all  
9 out there so we can all plan accordingly and get some things  
10 resolved next week. Okay?

11 (Many thank you's and goodbyes)

12 (Phone all hang up)

13 MS. HANLEY: Wow, that's concerning. I mean--

14 DR. WELLS: He still hasn't gotten that household  
15 data.

16 MS. HANLEY: What the heck? Seriously. Those of  
17 us here around the table could be doing what--it doesn't  
18 take a rocket scientist.

19 DR. WELLS: No, it doesn't.

20 MS. HANLEY: Really? Hand entering?

21 DR. WELLS: Yeah.

22 MS. HANLEY: I can't believe it. And it's like--I  
23 mean, what do you need for it to be a public health  
24 emergency? I don't get it. I mean, we talked about, not  
25 just Ebola, but the Zika and whatever else. I mean, there

1 aren't a lot of people who have it, but there's the threat  
2 that it could spread, right? And so I just don't understand  
3 why it is that they're slicing hairs like that, and they're  
4 sitting there spending the time to make these  
5 determinations.

6 MS. CALLO: Right, when they're telling us that,  
7 oh, it's my ethics, my engineering code of ethics, remember  
8 that? Anyway, at one point I got this big speech they have  
9 this engineering--(fades out and recording stops)

S-T-A-T-E-M-E-N-T  
SUSAN M. MASON, CER 3266  
Certified Electronic Reporter

February 3, 2018

Steven Tramontin, Attorney

Pear Sperling Eggan & Daniels, P.C.

Domino's Farms, Lobby D

24 Frank Lloyd Wright Drive, Ste D-2000

Ann Arbor, MI 48105

Conference call with Dr. Eden Victoria Wells  
Held on October 21, 2016

41 pages @\$3.00 per page = \$123.00

---

Susan M. Mason, CER 3266  
Certified Electronic Reporter  
1409 Escott, N.W.  
Grand Rapids, MI 49504  
(616) 204-5101

